

---

TRANSCRIPT OF PROCEEDINGS

---

THE MEDICO-LEGAL SOCIETY OF VICTORIA

THE MELBOURNE CLUB

MELBOURNE

SATURDAY 27 AUGUST 2011

"Use of medical imaging to determine  
cause and mechanism of death"

PRESENTED BY: Dr Chris O'Donnell

MERRILL CORPORATION AUSTRALIA  
4/190 Queen Street, Melbourne.

Telephone: 8628 5555  
Facsimile: 9642 5185

1 DR HOWLETT: Members and guests, the medical specialty of  
2 radiology has come a long way since the era of plain x-  
3 rays, the only imaging modality available for many  
4 decades, after the discovery of x-rays in 1895 by a  
5 Professor of Physics at the University of Würzburg,  
6 Wilhelm Röntgen. Computerised tomography or CAT scans  
7 and magnetic resonance imaging amongst other modalities  
8 have produced nothing short of a revolution in the way  
9 medicine is being practiced since the latter part of the  
10 last century. Nor have advances in radiology been  
11 confined to the realms of investigation and diagnosis.  
12 Interventional radiology now offers treatment for diseases  
13 such as aneurisms and tumours previously treatable only  
14 following the application of a surgeon's knife, if  
15 treatable at all.

16 Tonight, we will hear about a comparatively new  
17 application for the radiologist's skills. The  
18 investigation not of the living but of the dead and the  
19 Society has the privilege of hearing from one of the  
20 pioneers in this emerging sub-specialty, Dr Chris  
21 O'Donnell. Dr O'Donnell graduated from the University of  
22 Melbourne and undertook post-graduate training at  
23 Hammersmith Hospital in London as well as back in  
24 Australia. He became a Fellow of the Royal Australian &  
25 New Zealand College of Radiologists in 1986. Dr O'Donnell  
26 has been a consultant forensic radiologist at the  
27 Victorian Institute of Forensic Medicine since 2002 and  
28 holds a university appointment as senior lecturer in the  
29 Department of Forensic Medicine at Monash University.  
30 Please welcome Dr O'Donnell.

31 DR O'DONNELL: Thank you, Dr Howlett, I am very honoured and

1 privileged to have been invited to speak to you all today.  
2 What I am going to talk about is a very new area of  
3 medical imaging. Many doctors here probably use medical  
4 imaging in their every day clinical practice. This is a  
5 new application as Dr Howlett suggested in medico-legal  
6 death investigation. This is where I work. The Victorian  
7 Institute of Forensic Medicine in Southbank just behind  
8 the ABC. This is what I do. This is the use of CT  
9 scanning in particular for the investigation of the  
10 deceased. Before I start, you may have seen what I call  
11 myself. That is a necro-radiologist. Some in this  
12 audience in fact think that is a relatively frivolous name  
13 and what it is meant to portray is that I am a radiologist  
14 looking at the deceased.

15 I have a colleague overseas, she is actually Greek  
16 who has written in the literature because she does not  
17 agree with that word of necro-radiologist. Necros meaning  
18 "dead". So a necro-radiologist is a dead radiologist.  
19 Perhaps after tonight I will be. I might live up to that.  
20 So she has in this article decided to look at this from  
21 its origins. There is a Greek word "tomy" and the verb  
22 temnein meaning "to cut". So a necrotomy is "dissecting  
23 the dead". So what she says I should be called is a not a  
24 necro-radiologist but a necroto-radiologist, a radiologist  
25 who is dissecting the deceased using imaging techniques.  
26 Now I do not think necroto-radiologist is a really nice  
27 term so I have been looking a little myself and there is  
28 another Greek word called thanatos. Thanatos means  
29 "death" so a new name I am going to call myself is a  
30 thanato-radiologist, a radiologist of death, professor.

31 I show this picture and again you might think this

1 is frivolous but everything I am talking to you tonight is  
2 as a result of The Beatles. Believe it or not. The  
3 Beatles earned huge amounts of money for a company called  
4 EMI and they were with that money looking at diversifying  
5 away from the record industry into electronics and they  
6 gave that money to this very uninspiring looking man, Sir  
7 Godfrey Hounsfield, and told him to go and live his dream  
8 and his dream was to determine what was in a box by taking  
9 readings at all angles through it. He was an engineer who  
10 just came up with this idea.

11 After some work and many, many millions of dollars  
12 this is what he came up with. It is not very impressive  
13 but in fact this was a huge revolution in medical imaging  
14 and within a very few years he was given the Nobel Prize  
15 for medicine. Such an incredible achievement. This is  
16 what it looks like now with the sophistication of  
17 computers and so forth. It has completely changed the way  
18 we do business in the medical world. This is the CAT  
19 scan. How does it work? It is very easy. It is an x-ray  
20 tube and a ring of detectors that rotates around a  
21 patient. Now I understand there will be some medical  
22 people in this audience, there are also non-medical people  
23 so I will try and explain to you how this actually works.

24 There are two ways it can be done. One is like cutting  
25 a piece of salami. We actually just make rotational cuts  
26 through the body and make slices as if it was a piece of  
27 salami. Modern CT scanners actually make a continuous  
28 spiral but I like to think of it as a slinky. People  
29 probably know about slinkies. You pull out a slinky, each  
30 individual leaf of the slinky is a slice but we have the  
31 potential to put them all back together to make a three-

1 dimensional object. Analogy, I always try and do this  
2 with my children to try and get them to understand things,  
3 let us look at a watermelon.

4 Let us look at an x-ray of a watermelon. This is  
5 the traditional way of looking at things. So for example,  
6 Röntgen in 1895 when he first did his x-rays, this is how  
7 a watermelon would have looked. It has not changed much  
8 since then. You see some detail of what is going on  
9 inside the watermelon but not a lot of detail. Let us  
10 stick it on our CT scanner and make one of those salami  
11 cuts or actually one of those slinky cuts that I was  
12 talking about and immediately you can see the internal  
13 structure of the watermelon far better than you could with  
14 the normal x-ray.

15 The best thing out of this is that you do not have  
16 to just look in the slice as if it was a piece of salami  
17 or a slinky. One is able to put this into cyberspace and  
18 cut it in any direction one chooses. So for example here,  
19 we have physically cut the watermelon in this direction  
20 and we can now do that electronically. You can cut the  
21 watermelon in this direction. This is what it looks like  
22 when it is physically cut. This is what it looks like  
23 electronically. We can do this on our workstation. We  
24 can colourise it. There is digital data now. It does not  
25 have to be black and white. It can be any colour. We can  
26 colourise it. We can make it as bizarre as you choose.  
27 But more importantly, we can take those individual slices  
28 of the slinky and put it together and make a three-  
29 dimension model of the watermelon.

30 If you look very, very carefully here you can see  
31 those individual slices put together so we now have a

1 three-dimension model of the watermelon. We can  
2 colourise that watermelon but now we can actually take big  
3 chunks out of the watermelon as if it is a watermelon. So  
4 this can now be applied in the medical field and has been  
5 done so for 30 or 40 years. This is the sort of image we  
6 can now produce on a routine basis in clinical practice.

7 When I started at the Institute of Forensic Medicine  
8 it did not look as bad as this but it was not much better.  
9 We did not have a CT scan, we had equipment that Röntgen  
10 in 1895 would have been pretty happy with I think. It was  
11 very, very basic. This is the sort of images we could  
12 produce. Nothing to what we could do in that clinical  
13 case that I just showed you. Very, very basic  
14 radiography. It was okay but it was not giving us much  
15 information.

16 This is a condition known as pneumothorax where  
17 there is air in the lung. Very, very difficult to see  
18 because of all the overlying tissues. When I joined the  
19 Institute of Forensic Medicine in 2002 I had a dream. It  
20 was not as ambitious as this man's dream but it was a  
21 dream that I would like to try and introduce what I was  
22 used to in my clinical practice into the forensic world.  
23 The CT had had such a huge impact on clinical practice  
24 I felt that this could be of value in the forensic world.

25 I did not just get the idea. Many, many other  
26 people have also had this idea taking it from the  
27 clinical, from patients into other areas. So for example,  
28 animals, industrial uses. This is a gearbox using that  
29 same technique to look inside a gearbox. There is micro-  
30 CT looking at electronics. Building equipment so these  
31 are concrete blocks and trees looking for internal

1 structure of the tree. Mummies. We do quite a lot of  
2 work with Mummies either outside the sarcophagus or indeed  
3 inside the sarcophagus. We can get very interesting  
4 information.

5 There is even now people have taken this - the  
6 Gen Ys of the world have taken this and actually created  
7 art. This is the CT of a Barbie doll. This is a CT of a  
8 Big Mac. You can even see what a Sikh gentleman wears  
9 under his turban by using CT. So there is fantastic  
10 advances and information that is available to CT. So what  
11 if we could take that case. This is that case from when  
12 I first started with the pneumothorax. We could use a CT  
13 scan to look at exactly the same condition. This is the  
14 pneumothorax so obviously seen and like the watermelon we  
15 cannot just see it in black and white. We can make it in  
16 colour, three-dimensions. So the ability to see pathology  
17 is just incredibly open.

18 In April 2005 through good fortune, we were able to  
19 get one of these CT scanners to be installed into the  
20 mortuary at the Institute of Forensic Medicine and since  
21 that time in April 2005 all deceased persons that have  
22 come through our institute have been scanned. Up to  
23 25,000 in number now. In 2005, this was completely  
24 revolutionary. We were self taught, there were no text  
25 books.

26 The doctors I work with, the pathologists had never  
27 really looked at CT and they had very little experience in  
28 radiology. I am a radiologist with no experience in  
29 pathology. So it was basically the blind leading the  
30 blind. However after - well this is still July 2010 when  
31 we had done over 20,000 cases, we have done close to

1 25,000. I think we now have a very, very good  
2 understanding of this technology.

3 We now know what it is good at detecting. It  
4 detects gas and blood and bone and teeth and metal. It  
5 just so happens that in a forensic environment, a lot of  
6 these things are very, very important. Gas, for example,  
7 this is a gentleman who has died after scuba diving and  
8 has what is known as arterial gas embolism, with the whole  
9 cerebral circulation replaced by air. A very, very  
10 difficult diagnosis for pathologists to make because as  
11 soon as they incise the skull, the air disappears. We  
12 have a CT scan before that happens to show that there is  
13 air embolism present.

14 We see air in a very, very decomposed body here.  
15 You can see that there is air in every structure of the  
16 body. This is a common finding that we have to get used  
17 to, as we are seeing the deceased. We are used to seeing  
18 clinical patients, we have to move into the deceased.

19 Blood, this is a common problem in not only clinical  
20 practice but in forensic practice it is preeminent, a  
21 trauma, spontaneous bleeding, this is a large haemorrhage  
22 in the abdomen.

23 Haemorrhage in the brain and I am only going to show  
24 one pathology image but it think it is important that we  
25 do see the difference between what things look like in the  
26 autopsy room and what things look like in the CT so this  
27 is a CT scan of haemorrhage and this is the brain showing  
28 the haemorrhage. You can see they look very, very  
29 different but you do get the same information.

30 This is a person who has multiple fractures and we  
31 can see these fractures beautifully. We can demonstrate



1           them beautifully. Skull fractures, very, very complex  
2           injuries, can be very, very readily detected on CT.

3           Teeth. If we have forensic odontologists here and  
4           we do a lot of work with teeth for identification but this  
5           is a very interesting case. The tooth in a deceased  
6           person is actually in the bronchus, in the right main  
7           bronchus. So all this tooth, we went looking for what it  
8           looked like, so we took everything away using a  
9           workstation. There is the tooth. We found where the  
10          tooth was from, we told the pathologists and they went and  
11          found the tooth. The central incisor.

12          Metal in a forensic world, we see lots of metal,  
13          whether it be a knife. This person unfortunately fell and  
14          was impaled on a metal bar. This sort of material, we can  
15          see readily on the CT images and demonstrate it very, very  
16          well.

17          Now, that is not to say, I called this talk virtual  
18          autopsy and it is not true virtual autopsy, there are  
19          blind areas on the CT and there is some tissues in the  
20          body for example that we cannot see very well on CT and  
21          importantly in a forensic environment, the skin and muscle  
22          with, especially in relation to trauma, CT has a blind  
23          area.

24          So not all the injury that occurs can CT be useful  
25          for. It is only some injury. Some of those other areas  
26          have to be addressed at autopsy.

27          A policy from when we started this CT scan it was to  
28          scan all deceased persons as they came through. It is a  
29          big task. It takes a lot of time and effort but we  
30          decided that that was the appropriate thing to do on all  
31          deceased persons so we have a permanent digital record of

1 every single person that has come through our institute.

2 Scanned from head to toe.

3 They are also scanned in the condition in which they  
4 arrive so we have this permanent record of how they looked  
5 when they came so before anyone has touched them. All  
6 that data is stored electronically forever so it is  
7 accessible for us or anyone else who wants to see that  
8 data at any time.

9 Prior to 2009, we were learning how this all worked  
10 and I think over time we have now realised and the  
11 pathologists have now realised that this is a very useful  
12 technique in assisting them and determining cause and  
13 mechanism of death, whether an autopsy is done or not. It  
14 is also very useful for identification but I am not going  
15 to talk about that tonight.

16 Just to show you some of the things that CT can be  
17 very useful for in natural disease, issues of forensic  
18 pathology, unsuspected pathology. Remember we scan every  
19 single deceased person, so we find things that we did not  
20 necessarily think we were going to see. We see hazards  
21 that the staff may be exposed to. We can forewarn them of  
22 that, of course the metal. But this is natural death.  
23 This is a person who has died from a ruptured aneurysm, a  
24 blood vessel in the abdomen. Shows the bleeding into the  
25 retroperitoneum. Very easy diagnosis for cause of death  
26 in this case.

27 This is a more difficult case of an older gentleman  
28 who died and we can see here a hernia. It is obstructed  
29 and has caused the bowel to be obstructed so a much more  
30 difficult diagnosis but sometimes for the pathologists,  
31 can be difficult as well.

1           This is a forensic case of drowning and there are  
2 patterns that we can see on CT that are typical of  
3 drowning. Overdose of tablets for example. Here is an  
4 individual who has taken a large number of tablets and we  
5 can see those tablets inside the stomach and we can look  
6 at the toxicology and make the diagnosis of overdose.

7           This is a hospital case and this is also  
8 increasingly being of value in hospitals, I think because  
9 autopsies are not being done in hospitals, in routine  
10 quality practice so CT can be very helpful. This is a  
11 person who has had a biopsy of their kidney and has passed  
12 away after the biopsy with a large haemorrhage in the  
13 retroperitoneum. Seen very readily on the CT.

14           We scan everybody and sometimes we find amazing  
15 things, that just turned up. How it got there we do not  
16 know but my legal friends here I am sure would be very  
17 interested. We scan everybody and it is amazing what  
18 turns up.

19           This is an individual who jumped off a building and  
20 has got very severe injuries. He left a note, talking  
21 about his difficulties in life because he had problem he  
22 believed with his prostate gland and he could not control.  
23 He was passing so much urine and life was not worth living  
24 so he decided to take his own life. Normally a case like  
25 this you would think it is such an easy diagnosis but  
26 while we were doing the CT scan, we found in the brain,  
27 this tumour of the pineal gland, which was confirmed at  
28 autopsy. This can cause a condition that causes people to  
29 pass too much urine, so he thought he had a condition that  
30 was incurable, he could not do anything about, we were  
31 actually able to find and tell the family that there was

1 in fact a brain tumour that was responsible for his  
2 urinary problem. Completely incidental find.

3 This is a case of Sudden Infant Death Syndrome, so a  
4 child has died and the family did not want an autopsy but  
5 we were able to see that there is haemorrhage in the brain  
6 so this child has sustained trauma. It was unrecognised  
7 from the outside, no bruising, but very, very important  
8 finding by the pathologist.

9 Hazards, so the pathologists are going to do an  
10 autopsy. This is quite useful. We can scan the body and  
11 find for example this is a piece of metallic material.  
12 This is what is called an IVC filter. It has little barbs  
13 on it so the pathologists when they are about to do their  
14 autopsy want to know about these things so they do not  
15 prick their fingers. We can tell them that there is going  
16 to be a metallic device that they need to be careful  
17 about.

18 This interesting case and someone who has had  
19 prostate cancer who has had radioactive rods inserted into  
20 their prostate gland which is still active, so if the  
21 pathologist was to put a hand down into the pelvis, they  
22 would be exposed to radiation. We can warn them about  
23 that before they do the autopsy.

24 Tuberculosis, no pathologist really wants to do an  
25 autopsy on someone with tuberculosis unless they have  
26 taken preventative measures. But this is a person who has  
27 tuberculosis, cavitating tuberculosis, we can forewarn the  
28 pathologists about that so they can take the precautions  
29 before they do their autopsy.

30 It is also great for forensic cases. For example  
31 here we can show the injury, with the knife still in and

1 the effect it has had on the heart. This is very useful  
2 information for the pathologists before they do their  
3 autopsy they know what they are going to find or a  
4 deceased person who has had a bullet to the head, we can  
5 actually show the injuries, as if it was an autopsy, by  
6 looking at the skull, looking at the passage of the bullet  
7 through the brain, then producing three dimensional models  
8 that the pathologist can use to work out the direction of  
9 the bullet as it has passed through the brain.

10 People in the rest of the world are starting to take  
11 notice of the work that we have done and this is a - I  
12 have recently visited Kuala Lumpur, we have had  
13 pathologists from Kuala Lumpur come into work with us and  
14 they have set up an institute of forensic medicine with  
15 exactly the same scanner as we have with all our protocols  
16 because of the work they did in Melbourne so it is  
17 starting to spread from Melbourne to other places  
18 including in this area in Asia.

19 This is our fantastic technique. It is really  
20 taking off. How does it work in everyday practice? This  
21 is the legal bit, I guess, where it fits into the legal  
22 framework. I work for the coroner. The coroner's role is  
23 - I do not need to tell the legal people here but preamble  
24 to the current Victorian Coroner's Act is that the coroner  
25 is responsible for the independent investigation of deaths  
26 and fires for the purposes of finding the causes of death  
27 in fires and to contribute to the reduction of the number  
28 of preventable deaths in fires and the promotion of public  
29 health and safety and the administration of justice so  
30 these are all of things that are going on in the  
31 background in the Institute while we are doing medico-

1 legal death investigation. Coroners Act, it was an act  
2 that came into effect on 1 November 2009 and has  
3 completely changed our practice recently. As I said up  
4 until 2009 we were just using CT as an adjunct to our  
5 every day work but from 2009, November 2009 CT has  
6 actually become part of the Act. It is actually included  
7 in the Act. It is the first place in the world where CT  
8 is specifically mentioned as part of the process of  
9 medico-legal death investigation and s.23 talks about "A  
10 coroner may provide a body to a medical investigator to  
11 enable a preliminary investigation to be performed on the  
12 body. As every deceased person comes to our institution  
13 they have a preliminary examination. There is no specific  
14 order of the coroner, it is a routine procedure and that  
15 preliminary examination includes a whole raft of  
16 scientific examination including CT scans so CT scanning  
17 is now part of this routine process.

18 The medical investigator is not me it is the  
19 pathologist at our institute, the so called duty  
20 pathologist. And why they are doing this is because the  
21 Act in s.17 says that a medical investigator conducts a  
22 medical examination on the deceased person and provides a  
23 report to the coroner that includes an opinion that the  
24 death was due to natural causes and the coroner is not  
25 required to continue the investigation. So part of this  
26 preliminary examination is to see whether this is a  
27 natural death or whether it needs further investigation.

28 Our process at the Institute every morning is the  
29 process of preliminary examination. The pathologist sits  
30 down, looks at all the information that is available, the  
31 circumstances, the toxicology, external examination of the

1       deceased and the CT scan and the CT scan is an integral  
2       part of this because they get to see what is inside the  
3       body not just what is on the outside.

4               They look to see whether there are any positive  
5       findings that helps them make a diagnosis or importantly  
6       if there are any relevant negatives, no obvious  
7       indications of trauma or bullets or whatever. That helps  
8       them form an opinion. They have a form that they fill out  
9       every day and based on that they form an opinion about the  
10      need for autopsy or a reasonable medical cause of death  
11      which they then present to the coroner each morning.

12             What has that done to our work practice. How  
13      successful has that been. These are the relative number  
14      of or the relative portion of cases admitted to our  
15      Institute since 2001 to 2010-11 and you can see that the  
16      number of autopsies or the percentage of autopsies done  
17      over that time was already falling before our CT scanner  
18      was installed and this really reflected community  
19      standards. There was a big concern in the community and  
20      families about autopsies so these rates were dropping well  
21      before the CT scanner was installed and if you look here  
22      the rates did not change for the first four years up until  
23      2009, the rates of autopsy did not change but when the  
24      duty pathologist came in and this preliminary examination  
25      process was instituted immediately it reduced the autopsy  
26      rate about 50 per cent because the coroner was confident  
27      on the basis of the opinion of the pathologist that there  
28      was natural death.

29             The numbers have climbed a little in that time but  
30      they are still less than they had been over the previous  
31      years. I think this has been a successful process and the

1 CT scan has been an integral part of that.

2 The reason it has been successful is because the  
3 pathologist and the coroners were confident and  
4 comfortable in the CT scan. They had this four and a half  
5 years of experience of using it in every day practice so  
6 as the pathologist and the radiologist we learnt how to do  
7 CT of the deceased.

8 The coroners and pathologists became comfortable  
9 with the technology, what it was good at, what it was bad  
10 at. The legislation was framed around the CT scanner  
11 because of this confidence and now I believe it is the  
12 cornerstone of the success of the duty pathologist is  
13 because the CT scanner is now available.

14 How is this going in the rest of the world. There  
15 are other jurisdictions that do use CT. In particular in  
16 Switzerland, Germany and Japan but the difference is in  
17 our system we have a coroner. Most medico-legal systems  
18 in the world use criminal justice systems so it is a  
19 different process. They have much less broad indications  
20 for referral. It is mainly looking at criminal death,  
21 less natural death. So CT has not taken off to such a  
22 degree as in Australia.

23 There are very few jurisdictions in the world  
24 including Australia at this time where CT is a routine  
25 procedure prior to autopsy. In most jurisdictions in the  
26 world CT is an adjunct to autopsy.

27 Now, I have tried to show how it fits in with our  
28 process. What about using this as evidence because I am  
29 now increasingly being called to give evidence on the CT  
30 scan. How should we represent it, do we show it like the  
31 water melon. It is a very interesting way that we have to



1 now think about how we are going to show in court what is  
2 really quite complex medical information.

3 You could present it as a written report and that is  
4 what I do do, a written report. But I do not think it  
5 gives you the full flavour of what we are doing. I think  
6 these pictures have hopefully shown you that there is a  
7 lot more information than just a written report. Black  
8 and white images are fine but there are colour. We can  
9 produce things in great colour. We can label them but we  
10 can also do three dimensional models. How should we  
11 present it? For example in this case this is what is  
12 called hemopericardium, blood around the heart, I could  
13 write a report that says the CT scan shows a large body in  
14 the hemopericardium. I could produce an image like this  
15 showing it or I could colourise it and put labels on it or  
16 I could produce something like this, a three dimensional  
17 model. Which is the best way to present this data to the  
18 court? This is a laceration of a kidney. I can say,  
19 laceration of the kidney. I can produce an image like  
20 this or I can produce a colour coded labelled image, a  
21 three dimensional model and we could take it even one step  
22 further and actually produce a physical three dimensional  
23 plastic model and that has actually been done in places  
24 where you can actually hold it in your hand, a model of  
25 what the CT data looks like. So there are lots of  
26 possibilities here of how we could present this  
27 information.

28 Head injury, talk about a head injury. We could  
29 show the image, we could colourise it, we can do a three  
30 dimensional model, we can actually do a physical model  
31 that someone could hold. There are lots of possibilities.

1           Now this has not been tested in the literature,  
2           certainly not in our literature, the medical literature,  
3           apart from in Switzerland where they asked a whole lot of  
4           prosecutors what they would prefer. Which of those  
5           options would they prefer if they were to be giving  
6           evidence. And you can see here the text comes out the  
7           worst, this is from a scale of one to five where one is  
8           bad and five is good. And you can see as we work up the  
9           scale from text, the CT with text, the colour coded text,  
10          to three dimensional models, this is what the prosecutors  
11          would prefer to be given.

12           What would they like to present in court? They want  
13          the 3D images. They want the colour 3D images. This is  
14          not yet published. That same Greek pathologist who does  
15          not like necro-radiology gave me this information so it is  
16          to be published but I think this just shows where at least  
17          the prosecutors in Switzerland feel the value of this is  
18          in three dimensional colourised information. But how are  
19          we going to present it in court. Do we do a paper copy of  
20          that or do we do a presentation like I am giving you  
21          tonight, trying to show you the complexity of what we are  
22          doing.

23           What about access to others. I work at the  
24          Institute of Forensic Medicine and I am working mainly for  
25          the police or for the Institute. What if other people  
26          want access to it, how do we give them access. Do I just  
27          give them the data and let them go off and play with it.  
28          Do we give them the images that I have been working on.  
29          Do we give them access to another radiologist for them to  
30          work it on. This is all part of the interesting  
31          complexity of this because there is a set of raw data that

1        anyone can have but there is a lot of work that goes into  
2        actually making those final images, it takes a lot of time  
3        and effort, and necessarily could be seen to compromising  
4        the data. Because I cut stuff out and I put stuff in.

5                The last thing I want to talk about is the fact that  
6        this data is permanent. It is permanently stored and it  
7        is available at any time for anyone who wants to have  
8        access and there is a concept now that we talk about  
9        digital exhumations. Instead of having to physically  
10       exhumate a body if at any stage someone wants to get some  
11       information about a deceased person that digital data is  
12       there and present at the click of a button. We can  
13       actually access that information at any time and decide if  
14       there is an issue in a case sometimes it shows, well, may  
15       be we do need to physically exhume the body, or there is  
16       nothing on the CT scan, there is probably no value in  
17       exhuming the body so this is a very valuable set of data  
18       that it is accessible for the future and this is one such  
19       case, a very decomposed body. Had been through an autopsy  
20       process and then some information came, it was an identity  
21       case trying to find out who this person was. That this  
22       person who was suspected to be on the CT scan had had some  
23       coronary artery intervention. They had had coronary  
24       artery disease and some cardiologist had put a stent in.  
25       I was asked to look at the case. The deceased person was  
26       somewhere else. I could physically get those images up  
27       and if you look very, very carefully here you can see -  
28       I did not pick this up at the time, this is sometime  
29       later, you can see very subtlety something here. Playing  
30       around and doing some three-dimensional re-constructions  
31       we can see there are in fact two stents in the coronary

1 artery one 12mm in length and one 16mm in length and the  
2 medical records on this person showed two stents one 12mm  
3 in length and one 16mm in length so we were able to  
4 positively identify this person on the basis of the CT  
5 data without needing to go and get the body from where it  
6 had been placed.

7 CT scanning is moving as it is in clinical practice  
8 and there are some really great advances that we can  
9 potentially do now. We can't do it as part of the  
10 preliminary examination because it is not part of the  
11 legislation but a coroner can ask us to do extra or order  
12 us to do extra information without the need for a full  
13 autopsy. So this is the legislation s.25 allows us to do  
14 other procedures, and this is new technique that has just  
15 been pioneered here and in Switzerland where in fact you  
16 may have heard of angiograms where we can actually look at  
17 the blood vessels of the body. We can now actually do  
18 angiograms on the deceased. There is no beating heart so  
19 we actually use a heart-lung machine or the equivalent.

20 We actually do not have one of these heart-lung  
21 machines we have another pump but we basically take over  
22 the function of the body using an external pump and using  
23 that we can pump contrast around the body as if it is a  
24 living person and actually outline the blood vessels of  
25 the body. This has got great potential for the future so  
26 for example this case where someone has bled in the brain,  
27 we can do an angiogram and show that blood vessel and the  
28 aneurysm in that artery that has ruptured. Fantastic  
29 information for the pathologist and may not need or  
30 require an autopsy.

31 In clinical practice we can also use the CT scan to

1 guide us to do biopsies. We may not need to do a full  
2 autopsy and take full specimen of tissue, we can take  
3 partial specimens so we can do the same thing in the  
4 deceased. So under CT control we can take small fragments  
5 of any part of the body we choose. So for example here is  
6 the kidney, here is the CT scan to produce a piece of  
7 tissue and we can get histology to look under the  
8 microscope without having to resort to a full autopsy of  
9 opening the entire body.

10 So in conclusion what I would like to say is that  
11 I believe that CT scanning of the deceased is a very  
12 effective technique. It is not truly a virtual autopsy.  
13 It does not replace autopsy but it is very helpful. It  
14 has now become the cornerstone of our new legislation in  
15 which there is the preliminary examination which is world  
16 first legislation in which other legal people in the world  
17 are very interested in seeing and it is important because  
18 this legislation balances the demands of a medico-legal  
19 death investigation and the needs and rights of relatives

20 I believe that CT contributes to all those things  
21 that I said at the start was the role of the coroner.  
22 Finding causes of death. We assist the pathologists using  
23 CT to do that. Reducing the number of preventable deaths.  
24 By using CT we get accurate depiction of injury patterns  
25 and mechanisms so we can understand why people are dying,  
26 so therefore we can try and prevent that. And for the  
27 administration of justice I think we can find unsuspected  
28 pathology and assist courts in evidence, so I think we are  
29 living up to that role as well using the CT scan. That is  
30 all I would like to talk about tonight. I am very happy  
31 to take questions.

1                   This was an image that you may remember from the  
2                   bushfires. Even koalas are not free of our CT scanner so  
3                   that is a koala but we can actually CT koalas as well and  
4                   that is what a Koala looks like in the CT scanner. So  
5                   thank you very much.

6   DR HOWLETT: Thank you very much Chris. There is a microphone  
7                   circulating around the room. If you would please preface  
8                   your question with your name for the benefit of the  
9                   recording.

10   MR FERGERTY: Thank you very much Chris, it is absolutely  
11                   fascinating. Of course you are talking about cases that  
12                   come to the Coroners Court and there are many persons who  
13                   die who never make it to the Coroners Court.

14   DR O'DONNELL: Yes.

15   MR FERGERTY: When I was an assistant pathologist before I went  
16                   into orthopaedic surgery, the autopsy rate in teaching  
17                   hospitals was over 80 per cent. Now it is probably less  
18                   than 10 per cent. And my question to you is, do you think  
19                   that your form of necro-radiology might in the future take  
20                   over to help this problem of death occurring within  
21                   teaching hospitals and yet we are not really achieving the  
22                   real answer as to what the pathology may have been leading  
23                   to death?

24   DR O'DONNELL: I think that the answer to that is absolutely.  
25                   I think, there is already work going on in Japan in  
26                   particular they have very, very low rates of autopsy in  
27                   Japan and there is a very strong push in Japan to use this  
28                   technology in hospitals in a hospital-related death. I do  
29                   not know that it is all that popular in Australia yet but  
30                   I think it is, certainly as we get this technique out to  
31                   radiologist and pathologist, I think there is great

1 potential for trying to help hospitals understand why  
2 people die in hospital, not related to the coroner, it is  
3 not a particular issue of medico-legal death  
4 investigation, but just trying to work out why people die  
5 in hospital. I think there is great potential for CT and  
6 MRI and some of those other techniques, percutaneous  
7 biopsy techniques that I described. Absolutely.

8 MR NICHOLSON: My question is, you mentioned that in other  
9 states and territories the use of a CT scan is ancillary  
10 to an autopsy being ordered. Has any steps been taken to  
11 show to the standing committees of attorney-general or the  
12 ministers for health, the new Victorian legislation and  
13 the new Victorian system? You might be having success  
14 overseas but I wonder if it might be possible to have some  
15 success within Australia?

16 DR O'DONNELL: I guess my standard answer when I go to court is  
17 "It is not my area of expertise". Is that how you are  
18 meant to say it? The law? So I do not know the exact  
19 answer to that question. That is a very good question but  
20 what I do know is that Institutes of Forensic Pathology in  
21 Australia are increasingly using this technology.  
22 Queensland for example, in Brisbane. There is a CT  
23 scanner in Newcastle. There is a CT scanner going over  
24 mid next year for Perth who are about to install a CT  
25 scanner. So there is no question that the technology is  
26 going to be incorporated in the Institutes of Forensic  
27 Medicine but I suspect the same sort of thing will happen  
28 in those states as in Victoria.

29 I think the people who are involved with the system  
30 have to get comfortable with the technology before the  
31 legislators are able to feel comfortable of incorporating

1           it into their Acts. I suspect, I do not know, but it is  
2           pretty foreign I think to a lot of pathologists when it  
3           first starts and a lot of radiologists do not really  
4           understand it so we have to try and get it integrated into  
5           the process first, into the autopsy process first, and  
6           I think potentially then it can be integrated into a  
7           preliminary examination type concept as a triage type  
8           concept.

9   MR LAVOIRPIERRE: Chris, an outstanding talk. You alluded  
10           during your talk to the deterioration of tissues with the  
11           passage of time. One of the areas that comes readily to  
12           mind as to causing potentially a large number of problems  
13           is obviously things like the lung. In a situation like  
14           this where you have got an infiltration process within the  
15           lungs, how much can you actually rely upon the CT  
16           technique, in other words how frequently do you get the  
17           patient relatively close to the time of death and secondly  
18           how much can you actually rely upon what you are seeing  
19           and how frequently therefore do you then have to go into a  
20           biopsy of the lung tissue?

21   MR DONNELL: That is a very good question, Alain. The lung is  
22           probably the worst area for CT because there are lots of  
23           changes that happen to the body at or around the time of  
24           death that are not the cause of death. Aspiration for  
25           example. So it is very common around the time of death  
26           for the deceased person to vomit and for the vomitous to  
27           be aspirated into the lungs and that causes a lot of  
28           artefact. It resonates in my brain every time I look at a  
29           CT scan, Professor Cordner said to me the very first time  
30           I started he said, "You have to understand the artefacts."  
31           That is what I spend my time doing, trying to make sure



1           that every time I see something on a post-mortem CT that  
2           it is true pathology and not artefact, and the lung is  
3           probably the most difficult area. From time to time we  
4           can be certain if it is very focal pathology or a mass or  
5           whatever, that in many, many cases we cannot rely on the  
6           CT findings for definite diagnosis in the lung.

7   MR HAREWOOD: I very much enjoyed your presentation. For a  
8           dead radiologist, that was surprisingly animated. But  
9           I was also reflecting on the role of MRI and you mentioned  
10          that and I am sure that must be next on your agenda but if  
11          I were to cast forward then if with CT scan, MRI,  
12          percutaneous biopsy, possibly even laparoscopic or  
13          endoscopic examination of body cavities, what would you be  
14          looking for with a post mortem then? Why would you need  
15          to actually carry out a post mortem and what would you  
16          find that you could not find by these minimally invasive  
17          techniques?

18   DR O'DONNELL: Look, we have not got that far so we do not know  
19          what we are missing but the reality is that we are talking  
20          medicine of gold standards and to this time, the autopsy  
21          is still the gold standard. We do not know what we are  
22          going to find until you do the autopsy and so the problem  
23          is, until we have done lots of work with the CT, the MRIs  
24          and all these other procedures, we do not know what we are  
25          going to be missing. The major things I think that we  
26          would be concerned about would be injury patterns. The  
27          sort of subtle textural issues in the skin and the  
28          subcutaneous tissues which the pathologists rely so much  
29          on for determining types and patterns of injuries, what  
30          weapon was used, et cetera, et cetera. There is very,  
31          very specialised work to the pathologist which I think is

1 at the absolutely - they are at the limits of imaging, at  
2 this time anyway. Certainly on the limits of CT. I think  
3 MRI has great potential but MRI is extremely expensive,  
4 very problematic but there are institutes in Europe that  
5 do have CT and have MRI and do CT and MRI in all their  
6 cases as well so it is definitely the way of the future  
7 but whether it will absolutely ever replace the autopsy,  
8 I think it is very unlikely because there will still be  
9 these subtle issues that will not be able to be addressed  
10 by imaging. In many cases it will but not all.

11 MR HOWLETT: I now call upon Dr Lythgo, our medical vice  
12 president of the Society to give the vote of thanks.

13 DR LYTHGO: That was an absolutely fantastic talk. I was  
14 thinking back to when cat scans were introduced and the  
15 thing that affected me was that it did away almost  
16 overnight with the need for air in cephalograms which were  
17 an investigation of neurosurgical patients which were a  
18 horrendous experience for the patient and for the  
19 neurosurgical anaesthetist but as you see, it has moved on  
20 and it has taken over the world and it has also led to the  
21 development of this wonderful new specialty of necro-  
22 radiology. Now, one of the joys of working as an  
23 anaesthetist is that for a considerable part of the time  
24 our patients are asleep but think of the necro-  
25 radiologist, for heaven's sake. You would not even have  
26 to put on your high heels and makeup to go and see your  
27 patients. I think it is also got implications in the  
28 current controversy or the discussions of selection of  
29 medical students because I know that we all need warm,  
30 empathetic clinicians who are wonderful communicators but  
31 should we really, you know, be prejudiced against the

1 candidate who has the perfect personality profile to make  
2 a necro-radiologist. Anyway, that being said, Chris, you  
3 are a wonderful communicator and on behalf of the Medico-  
4 Legal Society, I thank you very much for your presentation  
5 tonight.

6 DR O'DONNELL: Thank you.

7 - - -  
8